	б
1	in light that we have a rather ambitious schedule
2	today, I'll hold my remarks to the witnesses.
3	CHAIRMAN CONWAY: Dr. Mansfield?
4	DR. MANSFIELD: As will I.
5	CHAIRMAN CONWAY: Dr. Matthews?
6	DR. MATTHEWS: Just quickly, I want to
7	thank the presenters for taking the time to come
8	here, and just to put it in context that my real
9	issue in this is the age-old problem of balancing
10	productivity and safety. And particularly in the
11	world of accelerated clean-up, I think that is the
12	hot issue, so I'll be looking for that in your
13	testimony. Thank you.
14	CHAIRMAN CONWAY: And I might say that
15	for each witness that appears before us this morning,
16	we have an autobiography which we will submit, put in
17	the record, preceding each of your testimonies, and
18	with that, I'll turn to Mr. Jeffrey Allison, the
19	Manager of Savannah River Operations Office for the
20	Department of Energy. Mr. Allison.
21	MR. ALLISON: Good morning, Mr. Chairman
22	and members of the Board. I'm Jeffrey Allison, the
23	Manager of the Savannah River Operations Office, and
24	I appreciate the opportunity to talk to you today
25	concerning safety oversight at the Savannah River
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

Site. There is no more important subject to me than the subject of safety. While I believe the Savannah River Site has a sound and mature safety program, with an excellent safety record, I also know that continuous improvement is necessary to maintain or improve this performance. The safety of the federal and contractor workforce, the public, and the environment receive daily attention from me and my staff.

10 will discuss how Ι Today Ι ensure 11 policies and procedures are in place to safely 12 execute the work process at the Savannah River Site. 13 May I have the first slide, please? Next slide. Ι will discuss the following topics during the course 14 15 of mγ talk. We'll talk about how I establish 16 expectations, how I organize and staff for success 17 from the oversight standpoint, how I manage the contract, my personal involvement in operations and 18 19 safety oversight, and how the Savannah River 20 Operations Office reviewed and took lessons from the 21 NASA [National Aeronautics and Space Administration] 22 Columbia accident, then I'll conclude with a few 23 remarks.

This slide details how the Savannah River Operations Office receives policy and direction from

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

24

25

www.nealrgross.com

Headquarters, and formulates that into procedures to 1 2 conduct its oversight. DOE Policy 450.5 [Line 3 Safety, and Environment, Health Oversight] gives for oversight. expectations 4 Headquarters А kev 5 portion of the policy reads, "DOE Line Managers must acquire and maintain sufficient knowledge of program 6 activities in order to make informed decisions on 7 safety resources of their activities." 8

9 Α robust contractor self-assessment 10 program is one of the key elements of line ES&H 11 [Environmental Safety and Health] oversight 12 The DOE field elements oversight function processes. 13 maintains operational awareness, and that's very key, 14 of contractor work activities; it evaluates 15 contractor self-assessment results using operational 16 awareness, and conducts assessments when required, 17 for example, Operational Readiness Reviews [ORR], 18 when need is indicated by operational awareness 19 activities or when merited by the results of the 20 evaluation of contractor self-assessments.

Another key portion of this is also DOE Policy 411.1 [Safety Management Functions, Responsibilities, and Authorities], which establishes the ultimate responsibility and accountability for ensuring adequate protection of the operation of DOE

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

facilities, which rests with DOE line management. DOE fulfills this role where contractors are employed by establishing expectations in contractor requirements, overseeing compliance, and managing contracts. All of these, of course, flow into the direction that I have.

I have a Functions, Responsibilities, and 7 Authorities Procedure which I call FRAP [Functions 8 Responsibilities Policy], 9 and Authorities which roles responsibilities, 10 provides the of accountabilities and authorities for, among other 11 things, safety and operational oversight, and that's 12 a key aspect of how I provide direction to my direct 13 reports and also my workforce on how they need to 14 provide oversight of the contractor. A key aspect of 15 that is also a senior management team, called the 16 Executive Technical Management Board, and this is my 17 senior management responsible for line operations and 18 We meet periodically to discuss areas of 19 safety. cross-cutting interests to the site, share lessons 20 learned, and to make policy decisions that need to be 21 22 made in the areas where policy and direction may not 23 be as clear as it should be.

24I also have an SRS [Savannah River Site]25workplace safety, health, and security policy, and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

www.nealrgross.com

safety, rights, and workers' provide 1 this It's a document that's signed off 2 responsibilities. by all the DOE and contractor counterparts at the 3 and so we have a shared understanding as a 4 Site, council that these are the management 5 senior expectations that the workers need to do to operate 6 safely, as well as the responsibilities and rights 7 that they have as employees. 8 and 9

Finally, the Westinghouse contract, that is the oversight plan that we put 10 part of together, which we call the Performance Evaluation 11 This document provides 12 Measurement Plan. and direction to my staff as well as an understanding by 13 the contractor of the activities that we're going to 14 15 oversee in order to safely conduct their activities in the contract. 16

I also wanted to talk a little bit about 17 point DOE Policy 226.1 DOE Oversight 18 at this 19 I have reviewed the DOE 226.1 and provided Policy]. 20 comments back to Headquarters that I believe would 21 clarify the intent of that policy. The proposed policy maintains an emphasis on reliance on 22 the 23 contractor's feedback and improvement program. Based 24 of the proposed policy, and in on а review 25 consideration of the current programs previously

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

mentioned, I would not expect that significant changes would be necessary to implement the policy.

Now I want to talk a little bit about how 3 I organize and staff for success. Oversight at the 4 Savannah River Operations Office is really conducted 5 levels. three I've Facility 6 at got my 7 Representatives that really are employees that have 8 broad-based duties that provide observation of dayto-day operation and safety of the facilities, and 9 10 they're really my eyes and ears out in the facility, 11 and they're a very important aspect of my oversight 12 They are kind of like my first line of process. 13 defense. They're the ones who are out there on a 14 day-to-day basis that are looking at things, and 15 they're smart, they're not necessarily experts in 16 every area, but they're smart, and they understand 17 when there's issues that they need to bring to the 18 Specialists are folks that look at tech specialist. 19 criticality safety, nuclear safety, RADCON 20 [Radialogical Control], industrial safety, all the 21 various subject matter experts [SME].

The way I've organized this, my line organizations have all the technical resources they need to conduct their duties. I also have an ES&H [Environmental Safety and Health] organization that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

www.nealrgross.com

1	provides cross-cutting, site-wide reviews of safety
2	and health programs and operations. They look for
3	trends, they share lessons learned, they look across
4	the various line organizations. They also provide an
5	independent assessment aspect for me, so they look at
6	the line organizations. Their role is to really help
7	the line organization implement their safety and
8	operations oversight, but if they also feel that the
9	line organizations are not adequately discharging
10	those duties, they have, through the fact that they
11	report to me, also an avenue to report any concerns
12	to me so that I can resolve those issues. So it
13	provides a check and balance for me in my oversight.
14	
15	From the standpoint of staffing, my
16	Facility Reps, I've got 29 Facility Reps currently,
17	and they're all fully qualified. I have a total of
18	206 positions that fall in the technical
19	qualification programs, 152 of those positions are
20	fully qualified. In a recent reorganization back in
21	June, I moved some folks around to give them some new
22	responsibilities and duties, and so of the 54 people
23	that are currently not qualified in the technical
24	qualification program, 23 of those were previously
25	qualified, so I do have a fairly sound and technical

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

workforce.

1

Now I want to talk about managing the 2 This slide, under operational oversight, 3 contract. provides many of the aspects and things that we do to 4 oversee what the contractor does. Now the most 5 Ι believe, is maintaining thing, 6 important 7 operational awareness. Just getting out in the 8 facilities, understanding what's going on, overseeing the operations, and doing observations, and from 9 10 walk-throughs, those observations, management 11 management presence is also very important, not only 12 the technical folks. We go out and we develop formal 13 technical assessments. We also look at performance Those are very critical in understanding 14 indicators. 15 trends.

But probably the most important thing is 16 17 looking at day-to-day operational activities, whether it's occurrence reports, or just field observations, 18 19 looking at that information, analyzing it. 20 understanding what it means and looking for trends. 21 That's probably the most important thing that we can do, and then, of course, providing that feedback to 22 23 the contractor is very important because the whole 24 idea of oversight is to improve performance, and so 25 providing feedback and my expectations for my senior

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I also believe that something that's very 5 important is my personal involvement in safety and 6 7 understanding what's going on out in the field and One of the things that I have on my 8 the operations. staff of direct report to me and the manager of the 9 I have a technical assistant who 10 is office, is assigned to my staff to ensure I am kept fully aware 11 12 operational issues in all facilities and work of 13 activities, and this person is a former Senior 14 Facility Rep, and that person provides a lot of directly insight to me. 15 This person also attends all 16 the daily conference calls of operational activities 17 so they maintain direct awareness. We review all the 18 operational occurrences from the prior night, and 19 every morning that person and I sit down and discuss 20 those activities. quick analysis We do а to understand if there is any trends that we need to 21 22 push back from the line organizations to make sure 23 that they are fully going out and looking at these 24activities and taking the appropriate action steps, 25 and whether or not there is a need to provide

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

www.nealrgross.com

1 feedback to the contractor.

I also meet weekly with my senior staff, 2 senior management staff, and the purpose of these 3 meetings is to really share lessons learned, 4 and discuss operational and safety issues. I spend a lot 5 of time personally out in the field, getting out 6 7 there with my Facility Reps, understanding issues, and one of the things that I do to make sure that I'm 8 9 getting clear and unfiltered information from my line 10 managers is, I'll go out and talk with Facility Reps, 11 and then I'll wait and see what the message I get 12 back from the line manager on issues that they have, 13 and that provides a good way for me to correlate whether or not I'm getting information directly, or 14 whether it's getting filtered through the line, or if 15 I'm not even receiving information. 16 17

I think one of the things that I try to do is have a personal ownership and commitment for safety, and I've provided those expectations through performance plans and clear communication to my senior management team.

22 I want to talk a little bit about what we 23 did at the Savannah River Operations Office with the 24 Columbia Accident Investigation Report. The first 25 thing Ι did was that Ι sent out to senior my

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1	management team, and asked them to read and review
2	that, and also share that with their senior technical
3	and Facility Reps. We sat down for a couple of hours
4	as a senior management team and analyzed that report,
5	and one of the things that we focused in on were some
6	of the behaviors and organizational aspects of that
7	and their applicability to Savannah River. Some of
8	the things that we found that were very important
9	that came out of that report were clearly
10	communicating safety expectations, and so we tried to
11	maintain that as a focus area, and I've continued to
12	do that through all-hands meetings and talks with my
13	staff. Any time I get a chance to talk about safety
14	from my expectations and how that relates to
15	accelerating work activities and why safety is the
16	most important thing that we do from the standpoint
17	of accelerating work, I take that opportunity.
18	We also wanted to make sure that there
19	were clear lines of communication. When safety
20	issues are raised, they need to be resolved either by
21	making some correcting actions, or getting additional
22	information and recognizing that it may not be as
23	significant an issue as we thought. We made sure we
24	got that message again, reinforced that to the
25	workforce so they knew that if you have a safety

**NEAL R. GROSS** 

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

it's going to get resolved one way or the 1 issue, There will be no safety issues that will not 2 other. get resolved. 3 We've continued to reinforce that and 4 continued to talk about that through our organization 5 and made sure people understand primarily the message 6 of accelerated clean-up and how that doesn't diverge 7 from having safe operations. 8 Let me just conclude, and then I'll be 9 glad to take any questions from you. I believe at 10 the Savannah River Site, we've got a sound and mature 11 safety program with an excellent safety record. Т 12 know that constant vigilance is required to maintain 13 discipline 14 and improve this performance. Our 15 framework for able and due Headquarters direction for oversight is accomplished through the commitment of 16 senior managers and their technical staff who are 17 fully engaged in the operational oversight of their 18 I believe I have demonstrated commitment 19 facilities. to safety as an individual and manager, and as such, 20 culture that fosters 21 Т have created а open 22 communication, values safety, and strives for 23 I appreciate the opportunity continued improvement. to submit testimony and will be glad to answer any 24 25 questions.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	18
1	CHAIRMAN CONWAY: Thank you. Dr.
2	Eggenberger?
3	VICE CHAIRMAN EGGENBERGER: You mentioned
4	that the oversight policy that's being put together
5	by Headquarters, or has been put together by
6	Headquarters, that you have provided comments on the
7	policy and one of the conclusions that you drew was
8	that there would be no changes required on your part
9	to implement this policy. Is that you nod,
10	"Right." Okay.
11	MR. ALLISON: That's correct.
12	VICE CHAIRMAN EGGENBERGER: I'm not sure
13	what that policy is. If there is - if no change is
14	required, is this a new policy or don't we have
15	orders that define the policy fairly well, or can you
16	maybe give your view on that briefly?
17	MR. ALLISON: I looked at the policy and
18	also kind of did a coarse correlation with DOE Policy
19	450.5 which provides line ES&H oversight. From my
20	perspective, I believe that the new Policy 226.1 does
21	a good job of picking up some other areas like cyber-
22	security that weren't covered in DOE policy 450.5, so
23	I believe it's more inclusive. From the standpoint
24	of the aspects of the policy that are implemented, I
25	believe that, you know, there's not a lot of
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

basically the message is very similar to the current 1 policy. I didn't see where I was going to -- I would 2 relax my oversight, for example, in areas. It talks 3 about a graded approach, the prior policy talked 4 It talks about reliance on about a graded approach. 5 the contractor self-assessment, this policy does too. 6 is that to effectively oversee the 7 feeling Μv contractor, or manage the contract, there is а 8 certain level of oversight that you need to provide. 9 You need to maintain the safety envelope and make 10 sure that the contractor is doing that. As the 11 federal government, I think I have a role in doing 12 that in overseeing the contract, so I didn't see from 13 the standpoint of, you know, looking at that and 14having some of my senior folks look at it, that I was 15 going to have to make significant changes in my 16 oversight. 17 Would you VICE CHAIRMAN EGGENBERGER: 18 agree with me that contractor self-assessment is part 19 of the contractor's job and that this is nothing new? 20 That the contractor should always be self-assessing? 21 Do you want to comment on that? 22 23 I agree with you, A.J. MR. ALLISON: In fact, the contractor in Bobble [as heard] talked to 24

that as a very strong self-assessment program, you

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

www.nealrgross.com

	20
1	know, from the line self-assessment as well as the
2	independent assessment, and so I believe that the
3	contractor needs to do that. We have, in fact, taken
4	advantage of that in our oversight. We address and
5	assess the contractor's self-assessment program, look
6	at how rigorous a job they're doing, and clearly in
7	areas where they're not finding issues, where they've
8	done a fairly thorough job, we use that in our
9	assessment program and make sure we may do a spot
10	check in those areas. Areas where they're finding
11	issues, we may look at a little bit deeper. So we do
12	use that, and they do have the contractor does
13	have a fairly strong self-assessment program.
14	VICE CHAIRMAN EGGENBERGER: You're saying
15	it two ways here. Earlier you said that it was
16	important for you, as the government, to examine what
17	the contractor is doing period. That's a summary of
18	what you said, I think. Now you're telling me well,
19	maybe you'll look at some of the stuff that the
20	contractor is doing, but you may rely on his self-
21	assessment and not look at everything. Is that
22	correct?
23	MR. ALLISON: Well, okay. Let me
24	clarify that.
25	VICE CHAIRMAN EGGENBERGER: Yes.
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

1	MR. ALLISON: I do believe that the
2	government has an obligation to understand what's
3	going on, that's the operational awareness, and we do
4	have an obligation to look periodically at certain
5	areas to basically validate the contractor self-
6	assessment program. I don't have the resources, and
7	I don't think I should have the resources, to look at
8	everything in 100% standpoint as far as everything
9	that the contractor does, but I need to have people
10	that are smart, that are looking at trends, so we can
11	go out and do a smart assessment program and make
12	sure that we're looking at the areas that are most
13	critical.
14	Certain areas, clearly an Operational
15	Readiness Review, you know, if the order dictates
16	that we need to do that, we're going to do that,
17	regardless of how good of a ready assessment the
18	contractor has done. So the point I was trying to
19	make is that no, we're not going to 100% review, but
20	we're going to do a smart sampling. A part of that
21	sampling is based on how well of a self-assessment
22	the contractor is doing.
23	VICE CHAIRMAN EGGENBERGER: Thank you.
24	DR. MANSFIELD: Just one or two
25	questions. On your corrective action programs, I'd
	NEAL R. GROSS
	(202) 234-4433 COURT REPORTERS AND TRANSCRIBERS WASHINGTON, D.C. 20005-3701 www.nealrgross.com

11

in example, one that's probably use an 1 like to recent occurrence of The 2 process right now. disabling of both lines of ventilation in the FB Line 3 maintenance, clearly some change, some 4 during maintenance procedure would have prevented that. The 5 question, and maybe it's a question for Mr. Pedde, is 6 are procedures going to be changed, and how will you 7 track that? How will the Savannah River Office track 8 that, and who at Headquarters tracks you tracking 9 10 that? 11 MR. ALLISON: Okay. Well, as far as whether or not we're going to track that, yeah, 12 ΜV be watching, you know, Facility Reps will what 13 changes are made and then, you know, clearly they'll 14 15 report that back through their line management and to As far as who is going to be watching what I'm 16 me. doing, Paul Golan, whom I report to, he and I stay in 17 very close contact on operational issues, and so he 18 19 will be aware of what's going on, and I'll make sure he understands the corrective measures that have been 20 21 taken. DR. MANSFIELD: Does this -- was this set 22 23 of occurrences more important than most? It seems to 24 the failure of safety systems, me that two two 25 redundant safety systems, should take more than an NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1 || ordinary amount of attention.

-	
2	MR. ALLISON: Yes. Clearly anytime a
3	safety system fails, that is something of significant
4	concern to me and to my staff, and so and I'll let
5	Bob speak from his perspective, but clearly that was
б	a concern, and we are looking very closely at why
7	that happened, how that happened, and what the
8	corrective measures might be.
9	DR. MANSFIELD: Okay, and does Mr. Golan
10	at Headquarters keep close technical contact with
11	this?
12	MR. ALLISON: He and I talk, if not
13	daily, several times a week. He also has access to
14	any occurrences that happen, and we talk frequently
15	about issues that are of an operational nature.
16	DR. MANSFIELD: That's all.
17	CHAIRMAN CONWAY: Dr. Matthews?
18	DR. MATTHEWS: Before this meeting, I
19	kind of looked at Undersecretary Card's testimony,
20	and you did too in the previous meeting, and he said
21	something here I thought was important. He said,
22	"We're going to put pressure on the systems to
23	deliver more for less, and as a result of that
24	accelerated work," then he said, "We have to think
25	through how this is going to induce new hazards into
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

-	24
1	the system." I think that's an important statement,
2	so I was curious about what new hazards does
3	accelerated clean-up induce in the systems, have you
4	identified those, and how will you predict those as
5	the contractor goes through his job?
6	MR. ALLISON: I think with accelerated
7	clean-up, just as before, it's very important to have
8	a good understanding of what your scope of work is
9	and to clearly analyze the hazards. I mean, I think
10	ISM [Integrated Safety Management] has become, if
11	anything, more important in how we're doing work, and
12	to have deliberate, very good understanding of that
13	skillful work, what the boundaries are, it's very
14	important right now, and so that's really what the
15	focus has been on, you know, having that good up-
16	front planning, and making sure you have the right
17	controls in place, whether it's protective clothing
18	or engineering controls. That has become more and
19	more important, and so that's really been an area of
20	focus and an area of concern.
21	DR. MATTHEWS: Okay, but you didn't tell
22	me any new hazards you may have identified. Let me
23	tell you one that I would identify, and then I'll let
24	you respond to that, and because of this sort of
25	managing the contract, not the contractor concept,

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

and pretty significant awards for meeting milestones 1 and deliverables, and accelerated clean-up (And by 2 the way, I congratulate the contractors for making 3 against progress on your site.) I'm not 4 dood accelerated clean-up as such, I'm just worried about 5 the safety of locations [activities]. But I would 6 a new hazard would be that there may be 7 sav а motivation by some to cut corners, and therefore, 8 take a little more risk in order to get done faster. 9 Do you see that as a hazard? Is that the type of 10 thing you think about? 11 12 MR. ALLISON: Well clearly, that's an 13 issue of concern, and that's got to be part of the message that we communicate as a management 14team 15 that, you know, safety will not be relaxed just 16 because we're accelerating clean-up. Clearly you've got to take the same rigorous approach to executing 17 work as you did before. There is no relaxation of 18 19 safety requirements or procedures, but clearly, you 20 know, as over the years I think we've come to the 21 conclusion that probably layered we have on 22 additional requirements above and beyond what needs 23 to be done to get work done, and so what we're trying 24 to do, and the way I look at is, de-layer or peel 25 back some of those requirements that don't

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	26
1	necessarily add value from the standpoint of getting
2	work done or safety, but were just additional checks
3	and balances that we put in because of prior events.
4	
5	So we're trying to delayer those work
6	activities and procedures clearly maintaining a focus
7	on safety, but also trying to balance that with
8	getting work done and reducing risk.
9	DR. MATTHEWS: Can you give me an example
10	of a delayered requirement that would accelerate
11	work?
12	MR. ALLISON: Well, not necessarily a
13	specific example, but I know in some of our job
14	planning and job hazards analysis, you know, we've
15	over the years just added additional requirements on
16	top of requirements, and in some of our procedures,
17	as you go through those and look at them, they've
18	just become too, you know, jobs that should take four
19	hours take eight hours. I think I can provide you
20	with an example. I'll submit that for the record
21	separately.
22	DR. MATTHEWS: Yeah, I'll give you an
23	example I would use, is you know, a stack of paper
24	that high with hazards assessment doesn't really help
25	the operator minimize hazards. Is that the kind of
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

	27
1	thing you're
2	MR. ALLISON: Yeah, that's the kind of
3	thing, but I think I can provide you with some
4	specific examples of I will do that.
5	DR. MATTHEWS: Good.
6	CHAIRMAN CONWAY: Let me follow up if I
7	may. Are you finished? Let me follow up on that
8	now. Have you made during the past year any
9	modifications of your engineering manuals of
10	practice? Isn't that some of the changes you've
11	made?
12	MR. ALLISON: Yes.
13	CHAIRMAN CONWAY: Okay, and how they use
14	these manuals? Are these specific changes you're
15	making?
16	MR. ALLISON: Yeah, well, the contractor
17	is making those.
18	CHAIRMAN CONWAY: How did you make the
19	decisions in what you're going to change in your
20	manuals of practice? I mean, these are specific
21	changes you're making, as I've been told.
22	MR. ALLISON: Yeah.
23	CHAIRMAN CONWAY: Well, this is in answer
24	to his question, your manuals, engineering manuals of
25	practice are pretty fundamental for your people. Now
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

	28
1	you're making modifications to those, are you not?
2	MR. ALLISON: Yes.
3	CHAIRMAN CONWAY: Okay, well, that would
4	be one of the things I think you could have explained
5	to Dr. Matthews. Now that's pretty significant. Now
6	is this because of the new policies that are coming
7	out from Headquarters?
8	MR. ALLISON: No. This is
9	CHAIRMAN CONWAY: This is something you
10	would have done anyway?
11	MR. ALLISON: Yeah.
12	CHAIRMAN CONWAY: So you had these in
13	this is not because of the new policies coming out of
14	Headquarters?
15	MR. ALLISON: No, they're not related to
16	that.
17	CHAIRMAN CONWAY: So these are something
18	you're doing on your own initiative?
19	MR. ALLISON: Yes, as we're trying to
20	figure out, you know, basically, like I said, de-
21	layer some of these procedures and policies that
22	we've added requirements that are above and beyond
23	the standards, we're trying
24	CHAIRMAN CONWAY: But why did you have
25	some of these in the past if they weren't really
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com

You've been here for guite awhile. I 1 necessarv? suspect, but I'm hearing you say no, that this is in 2 furtherance of or in following on the new policies 3 4 that are coming out of Washington. No. I mean, what we're 5 MR. ALLISON: trying -- well, in an effort to try to accelerate the 6 7 work, we're looking at ways in which we can basically 8 de-layer and make -- allow the worker to do the work safety, but without having all kinds of excess 9 10 requirements layered on top of him. CHAIRMAN CONWAY: So these were decisions 11 12 you made on your own down at --13 MR. ALLISON: Yeah. CHAIRMAN CONWAY: -- in furtherance of 14 15 this. 16 MR. ALLISON: Yeah. As we've looked at 17 policies and procedures, looked at ways in which we 18 can accelerate the work, we've also taken advantage 19 of things that have been done at other sites, lessons 20 that they've learned --CHAIRMAN CONWAY: 21 Okay. How do you 22 disseminate these new approaches now to your workers 23 out in the field? How do you -- now you're making 24 changes, you're longer following all no these 25 procedures that were in the manuals, now how do you **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	30
1	get that down to your working people?
2	MR. ALLISON: Well clearly we have to
3	communicate as management and let them know, you
4	know, why this change is being made
5	CHAIRMAN CONWAY: Are you doing this in
6	writing or is this all verbal?
7	MR. ALLISON: I think most of it is
8	I'll have to let Bob talk to that.
9	CHAIRMAN CONWAY: All right.
10	MR. ALLISON: I know I've had a lot of
11	communication with my workforce in accelerated clean-
12	up so that's just
13	CHAIRMAN CONWAY: Okay. So these changes
14	are being made because of the from the
15	contractors' point of view?
16	MR. ALLISON: Well, the contractors
17	proposed them clearly as
18	CHAIRMAN CONWAY: So it's a contractor
19	proposal. It's coming out of the contractor to you,
20	and you're approving or disapproving some of them, I
21	presume.
22	MR. ALLISON: Yeah.
23	CHAIRMAN CONWAY: Okay, so then I should
24	turn to Bob Pedde and let him explain some of these
25	changes you're making or proposing to the government
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701www.nealrgross.com